

1
2
3 SAN LUIS TRANSMISSION PROJECT
4 DRAFT ENVIRONMENTAL IMPACT STATEMENT/ENVIRONMENTAL
5 IMPACT REPORT
6 PUBLIC MEETING
7
8
9
10
11

12 Tuesday, August 11, 2015

13 5:28 p.m. to 7:28 p.m.
14
15
16

17 LOS BANOS COMMUNITY CENTER

18 645 Seventh Street

19 Los Banos, California
20
21
22
23

24 Reported by: Karen A. Andasola, CSR 10919
25

1 SPEAKERS:

2 KOJI KAWAMURA

3 TOM MURPHY

4 DENISE JACKSON PADDACK

5 MANDEEP BLING

6 LARRY FREEMAN

7 JOSEPH OLORIZ

8 BETH TACKABERRY

9 --oOo--

10
11 MR. KAWAMURA: All right. I'd like to welcome
12 everyone to the public meeting for Western Area Power
13 Administration's proposed San Luis Transmission Project.
14 We are currently in the National Environmental Policy
15 review, and as part of that process we held the scoping
16 meetings November of 2013 and we published the draft
17 environmental impact statement in July. And now we're
18 heading to public comments.

19 We had public comments yesterday, a hearing
20 yesterday in Tracy. We did not receive any comments,
21 verbal comments yesterday. We're hoping that we will be
22 receiving some written comments from that meeting. This
23 is our second and last of the public comment meetings
24 here in Los Banos, and we'd like to welcome everyone.

25 The purpose of this meeting is to try to solicit

1 public comments, and that is one of the most important
2 processes of the National Environmental Policy Act, to
3 get the public input that goes into developing the draft
4 environment impact statement. It helps the decision
5 makers. It's a real important process.

6 Let me kind of introduce the participants here.
7 Tom Murphy is from Aspen Environmental. He's the
8 contractor which we hired to do most of the
9 environmental studies. And then he'll prepare those
10 reports and provide those to the decision makers. They
11 will make the decision.

12 This is a joint project with the Bureau of
13 Reclamation and with the San Luis Delta-Mendota Water
14 Authority. Western and the Reclamation district until
15 1977 were the reclamation operators of the Central
16 Valley project. In 1977, the power function transferred
17 to Western. And since that time Western and Reclamation
18 became independent agencies, but we have worked very
19 closely together.

20 What's driving this project is Western and
21 Reclamation had a contract with Pacific Gas & Electric
22 company. This has been a long-term contract, 50 years.
23 It's expiring next year. And as part of the expiration,
24 we went to PG&E to review the regulatory issues now so
25 they would be able to renew that contract with the state

1 terms and conditions or even similar terms and
2 conditions. Because under the new regulatory, PG&E can
3 only offer service through the system operator. And as
4 a result of that, the water users rates were going to
5 increase substantially and there's going to be a lot of
6 cost uncertainty. And so Reclamation and the Authority
7 went to Western to see if there's a transmission option
8 to continue to transmit the power in a cost certain way
9 from Tracy down to San Luis. And that's the genesis of
10 this project.

11 And Tom here will go through and kind of give you
12 a detailed analysis of the environmental impacts and the
13 project a little bit. And with that, Tom, I'll go on
14 ahead and turn it over to you.

15 MR. MURPHY: Thank you. Can you hear me over
16 there? Thanks, Koji.

17 I'm Tom Murphy with Aspen Environmental Group.
18 We are the consultant that provided Western Area Power
19 Administration and the San Luis and Delta-Mendota Water
20 Authority with technical support in the preparation of
21 the draft environment impact report and impact statement
22 for the San Luis Transmission Project.

23 Tonight we wanted to share with you information
24 on the San Luis Transmission Project. We wanted to
25 describe the proposed project to you. We want to share

1 with you why the proposed project is needed and we want
2 to summarize what we found during the EIS/EIR process.

3 The project overview is stated up there. Western
4 would construct, own, and maintain and operate
5 approximately 95 miles of transmission line. It's
6 primarily located adjacent to existing transmission
7 lines throughout those 95 miles and located in Alameda,
8 San Joaquin, Stanislaus, and Merced counties.

9 And here's a map of the project I just wanted to
10 go over with you. The project would start up here in
11 the Tracy area, Tracy substation, head down along
12 Interstate 5. There's an existing transmission
13 corridor, transmission lines along here to the west
14 along Interstate 5. The project would be located on the
15 east side of those lines adjacent to them. And they
16 would bypass the O'Neill substation, head into the Los
17 Banos substation. Then also there's a component of this
18 from the San Luis to Dos Amigos area right in here. And
19 I'll go into greater detail in a moment.

20 As Koji said, over the past 50 years Reclamation
21 has had a contract with PG&E to provide and transmit
22 power to San Luis. That contract will expire in March
23 of 2016. As a result, the Reclamation has been looking
24 at all options to transmit power to the San Luis project
25 in a reliable and a cost efficient manner. Reclamation

1 believes a new transmission line meets these goals, and
2 as a result Reclamation has submitted a transmission
3 service request to Western to facilitate Reclamation's
4 continued delivery of federal water. We believe that
5 the SLTP would minimize increases to the Reclamation's
6 electricity cost.

7 Reclamation, Western, and the Authority has been
8 planning this project for a couple years, and during
9 that time an eligible transmission customer submitted a
10 separate transmission service request in the same area,
11 and this SLTP project would address both of those
12 service requests to Western.

13 As described earlier, Western, Reclamation, and
14 the Authority spent a great deal of time designing the
15 San Luis Transmission Project. Western designed this
16 project to meet these five objectives. I'm going to
17 read them word for word. They're very important.

18 To obtain durable long-term cost certain and
19 efficient transmission delivery of the Central Valley
20 project power from federal power generation sites to the
21 major pumping stations of the San Luis unit, to reliably
22 deliver water to Reclamation and the Authority member
23 agencies, to locate and install transmission facilities
24 in a safety, efficient, and cost-effective manner that
25 meets project needs while minimizing environmental

1 impacts, to locate facilities to minimize a potential of
2 environmental impacts from external sources, to maximize
3 the use of existing transmission corridors or
4 rights-of-way in order to minimize the effects on
5 previously undisturbed land and resources, and to obtain
6 stable and reliable transmission that meets project
7 needs in a cost-effective and timely manner.

8 I wanted to go into the project in a little bit
9 more detail. It's a little bit complicated project. It
10 has many different components. I broke the project up
11 into several different components. The first is the 500
12 kV component. It would install and construct a new 500
13 kV transmission approximately -- a transmission line
14 approximately 65 miles in length between Tracy and the
15 Los Banos substation.

16 In order to do that we would have to construct
17 two new substations, one at Tracy called -- it's named
18 the Tracy East Substation and one at the Los Banos area
19 called the Los Banos Area West Substation.

20 In addition, Western would interconnect the
21 existing 500 kV Los Banos gauge number 3 transmission
22 line into the Los Banos West Substation. Let me go over
23 the map with you on that. Again, it's the same map.
24 Here's the Tracy East Substation just located east of
25 the existing Tracy substation. This red line represents

1 the proposed project. It would be located basically
2 from this point down in here adjacent to those existing
3 transmission lines that you see on Interstate 5 as
4 you're traveling along Interstate 5. That 500 kV line
5 would go around the O'Neill Substation and head into
6 this new Los Banos West Substation located right here.
7 And that's just west of the existing Los Banos
8 substation.

9 The second component is the 230 kV lines.
10 There's two parts of that. The first part is a
11 three-mile long transmission line between the Los Banos
12 West Substation and the existing San Luis substation.
13 The second part of that is a new 230 kV transmission
14 line between the San Luis substation or there's two
15 options there. Either coming out of the San Luis
16 substation or the Los Banos substation and heading down
17 to Dos Amigos.

18 If it was between the San Luis substation and the
19 Dos Amigos substation, it would probably be
20 approximately 20 miles in length between Los Banos and
21 Dos Amigos approximately. Let me go over the map with
22 you on that. The first part of that was a three-mile
23 line. Here's the Los Banos substation right here. The
24 230 kV line from this point over to San Luis. That's
25 the first component of it. And then there was the

1 second component of either starting at San Luis or
2 starting at Los Banos, but heading from this point down
3 to Dos Amigos substation right in here.

4 Some of the other components associated with the
5 project. There's a new 70 kV transmission line
6 approximately seven miles in length between the San Luis
7 and O'Neill substations. They need to modify the
8 existing San Luis and Dos Amigos substations. They need
9 to add and improve communication facilities, improve
10 existing and permanent access roads both for operation
11 of maintenance and for construction.

12 And let me show you where that 740 kV line is.
13 This yellow line right here from San Luis south of the
14 O'Neill Forebay, east of the O'Neill Forebay, up into
15 the O'Neill substation right here. That would be a 70
16 kV line.

17 In addition to the transmission components
18 associated with the San Luis Transmission Project,
19 Western is also looking at voltage options for this
20 project. These voltage options are dependent on whether
21 the eligible transmission customer continues with the
22 San Luis Transmission Project or not. Those voltage
23 options are the following. They would construct the 500
24 kV transmission component which we talked about, but
25 only operated at 230 kV between Tracy and San Luis.

1 The second option is not to build a 500 kV line,
2 but to build a 230 kV transmission line from Tracy all
3 the way down to San Luis. As you can see, if it is
4 built at 230 from Tracy to Los Banos and north, they
5 would not need the two 500 kV substations which we
6 talked about, the Tracy East Substation and the Los
7 Banos West Substation.

8 At the beginning of the EIS/EIR process we
9 developed alternatives based on public comments we
10 received during the scoping period and from our analysts
11 evaluating the project. In order to fairly compare the
12 proposed project to the alternatives, we had to break
13 the project into four segments so we could compare them
14 equally. And we named them north, central, San Luis,
15 and south.

16 Seven of those 13 corridor alternatives were
17 screened out because they didn't meet one of the
18 following criteria: meet project objectives, was
19 technically feasible, or had the potential to reduce
20 impacts from the proposed project.

21 I just wanted to briefly go over those
22 alternatives with you, the six that remained and were
23 evaluated in the EIS/EIR. The six corridor alternatives
24 were in looking at the first one, the north segment, we
25 didn't find a viable alternative that we could bring

1 forward in the EIS/EIR.

2 We looked at several. In the central segment we
3 do have an alternative that we brought forward. We call
4 it the Patterson Pass corridor alternative, and that --
5 in that area in the central -- central segment, again
6 it's that proposed project is running on the east side
7 of those existing transmission lines that you can see
8 from Interstate 5. The Patterson Pass Road alternative
9 would be on the west side of those transmission lines
10 adjacent to and parallel to the proposed project and
11 those transmission lines.

12 We also identified two alternatives in the San
13 Luis segment, Butts Road and west of cemetery. As you
14 remember in the -- down by San Luis, the proposed
15 project goes on the east side of the O'Neill Forebay.
16 We identified two additional alternatives that were on
17 the west side of the O'Neill Forebay. On the south
18 segment, there was -- we also identified two
19 alternatives as well. From the Los Banos area down to
20 Dos Amigos, the proposed project would be on the east
21 side of existing transmission lines. We identified an
22 alternative to that, and that's the San Luis to Dos
23 Amigos alternative. And that would be on the west side
24 of those existing transmission lines. There's one other
25 one we identified from the south, and that's the Billy

1 Wright Road. That would parallel Billy Wright Road down
2 to a point, and the project alternative would come back
3 into the proposed project corridor.

4 For the 70 kV one, we also looked at a number of
5 different options. We identified an alternative for
6 that. As you remember, the 70 kV line for the proposed
7 project is on the east side of the O'Neill Forebay. We
8 looked at a route that would be on the west side of that
9 O'Neill Forebay. So all six of these corridor
10 alternatives were evaluated in the EIS/EIR along with
11 the no action/no project alternative, and that would be
12 where the San Luis Transmission Project would not be
13 built.

14 Let me just show you real quickly those routes
15 that we just talked about. The north segment's up here.
16 We didn't find a viable alternative to bring forward in
17 the EIS/EIR. The Patterson Pass Road would follow this
18 line which is the proposed project. Again it would be
19 on the west side versus the east side of those existing
20 transmission lines. As you -- and then you get down
21 into the San Luis segment right here. As you can see
22 the proposed project is on the east side of the O'Neill
23 Forebay. We identified two. Butts Road, which is right
24 here, and west of the cemetery which is right here west
25 of the O'Neill Forebay.

1 And then when you get down into the south
2 segment, we identified two as well. Again, that's the
3 proposed project. It's on the east side of existing
4 transmission lines. The San Luis to Dos Amigos would be
5 on the west side paralleling that line right there, and
6 the Billy Wright Road alternative is this gray line
7 right here.

8 So besides looking at all the alternatives and
9 developing the alternatives and going through the
10 screening process, we brought the proposed project and
11 all the alternatives and the no project/no action
12 through 15 resource -- evaluated them through 15
13 resource areas for the draft EIS/EIR including
14 agricultural, air quality, cultural resources, traffic,
15 water, visual, and many more.

16 Besides that we also conducted very detailed
17 surveys out in the field, biological resource surveys,
18 cultural resource surveys, as well as visual inspections
19 at key observation points. And those are generally
20 around the National Cemetery.

21 So in conclusion, the EIS/EIR found significant
22 impacts in three resource areas, and they are
23 recreation, land use, and noise. The recreation and
24 land use had to do with the proposed Los Banos West
25 Substation. For recreation we found that the Los Banos

1 West Substation would result in conflicts with physical
2 alterations of and decreased accessibility of the Jasper
3 Sears OHV which is just west of the Los Banos
4 Substation.

5 For the land use we found that the Los Banos West
6 Substation would result in conflicts with the San Luis
7 Reservoir State Recreation Area Resource Management
8 Plan/General Plan as it pertains to the Jasper Sears OHV
9 use area.

10 For construction it was -- primarily focused --
11 or for noise it primarily focused on construction
12 activities that were temporary in nature. But the
13 construction would result in more than a five decibel
14 increase intermittently at sensitive receptors near the
15 project which would temporarily exceed local noise
16 standards near residents throughout the project area.
17 All other impacts were determined to be less than
18 significant with or without mitigation measures.

19 And finally for the environmentally preferred
20 alternative we identified per segment. In order to be
21 equal and fair, we identified for the north segment the
22 proposed project which we discussed. For the central
23 segment we identified the Patterson Pass alternative.
24 For the San Luis segment we identified the proposed
25 project as the environmentally preferred alterative.

1 And for the south segment, it was the San Luis to the
2 Dos Amigos alternative.

3 And if you notice the Patterson Pass Road
4 alterative and the San Luis to Dos Amigos alternative,
5 both have one thing in common. They're both on the west
6 side of the existing transmission lines and not on the
7 east side. The San Luis segment, the 70 kV line, we
8 found that the proposed project was the environmentally
9 preferred alternative.

10 And at this point both Western and the Authority
11 have not identified the agency's preferred alternative.
12 They really want to get the document out in the street
13 and have it reviewed by the public, receive comments
14 back, receive concerns before they identify their
15 agency's preferred alternative. That will occur when we
16 issue the final EIS/EIR.

17 And with that, I turn it over to Koji to move
18 into more formal public comment period of the San Luis
19 Transmission Project.

20 MR. KAWAMURA: Thank you, Tom. Are there any
21 questions for Tom?

22 MS. JACKSON PADDACK: I have a question. Who is
23 the eligible transmission customer?

24 MR. KAWAMURA: Yeah, the -- under the Western --
25 is this on? Okay. Under Western's standard policies

1 for open access transmission service, what we have is
2 there is a transmission service request that comes in.
3 It comes into a computer system, and then it cues in on
4 when they come to those requests. For market sensitive
5 purposes at this point in time until the project is
6 either buildable or not build or the customer decides
7 whether to participate or not, they're confidential for
8 business sensitive reasons at this point in time.

9 MS. JACKSON PADDACK: Basically it could be just
10 -- they're one of the key drivers. You think you could
11 tell us.

12 MR. KAWAMURA: The project is going to be built
13 either at a 230 or a 500. And for the 500, it would
14 only be built at a 500 if they participate. And so it
15 will still be built at the 230 -- if the project
16 proceeds, it would still be proposed at 230 if they
17 don't participate.

18 MS. JACKSON PADDACK: Even though it's a
19 public -- it's a public deal, they can't --

20 MR. KAWAMURA: It's just the market sensitive --
21 a lot of times what happens is there is a lot of
22 competing interest in transmission services request, and
23 by one entity making a transmission request, they're
24 concerned that there will be other entities who would --
25 competitors who may come in also. And so as a result,

1 until that's finalized, SNR's policy is not to reveal
2 those names.

3 All right. Before we actually go into the public
4 comments, I just want to let everyone know that
5 everything being said here is transcribed and becomes
6 part of the official record. The official record is
7 maintained at Western's offices. So if anyone would
8 like to take a look at it, feel free to contact Don Lash
9 who you can get copies of -- come in and see it or there
10 are copies of environmental impact statement/environment
11 impact report on the website. So that's a really good
12 site if you want further information.

13 Now with the comments, you can provide comments
14 any time before August 31st. The comment period closes
15 on August 31st. We take comments via mail, fax, or
16 email. The address would be -- mailing address is 114
17 Parkshore Drive, Folsom, California, 95630. You can
18 address the comments to Mr. Donald Lash and you can
19 email it to SLTPEIS-EIR@wapa.gov or you can fax it to
20 (916) 353-4472. And as long as we get those before
21 August 31st, they will be considered.

22 You can also provide verbal comments tonight, and
23 like I said will become part of the official record.
24 And with that I'm going to go on ahead and open up the
25 floor for comments. I received two comment cards

1 indicating the two speakers want to provide comments
2 tonight. If you do want to provide comments tonight
3 verbally, you can. I'll go ahead and have you introduce
4 yourself after these first two folks go.

5 First speaker is from the Department of Water
6 Resources, and it is Mr. Bling.

7 MR. BLING: Good evening. My name is Mandeep
8 Bling with DWR, Department of Water Resources you may
9 know of. I have some comments here. They are from
10 actually my management, so I'm just going to make a
11 brief -- if I can read them.

12 MR. KAWAMURA: Yes, fine. Thank you.

13 MR. BLING: DWR will be filing written comments
14 before the deadline of course. The DWR is the operator
15 and maintainer of the facilities including the San Luis
16 unit substation. Dos Amigos unit substation in
17 accordance with the congressionally ratified joint use
18 facilities agreement with the U.S. Bureau of
19 Reclamation. Per that agreement, connecting the
20 proposed SLTP to those aforementioned joint use
21 facilities will require DWR concurrence.

22 As such, the proposed action DWR has been
23 recognized as a cooperating and responsible agency in
24 the draft EIS/EIR and aforementioned consultation prior
25 to the issuance of their draft EIR. Board time may be

1 required more than 30 days for DWR to perform a thorough
2 and detailed review.

3 So as I mentioned we will -- there will be some
4 written comments that will be mailed to you. So there's
5 more to come on that.

6 MR. KAWAMURA: Okay.

7 MR. BLING: That's all we have right now.

8 MR. KAWAMURA: Thank you. I appreciate your
9 time.

10 The next comment is Mr. Freeman, a landowner.

11 MR. FREEMAN: Sure. I'm not very good at public
12 commenting. As Francis knows I'm very blunt and to the
13 point. My brother and I have inherited 700 acres from
14 our father right in this area. The transmission lines
15 go right through us. I guess the only thing I would
16 like to say is if it's possible that -- and I know the
17 alternatives, I know the routes. I just don't like to
18 see any larger footprint running right through our ranch
19 than the size it is now.

20 If it would be existing built n and expanded on
21 what's there, build it bigger, fine. I want to be able
22 to enjoy my ranch the size that it is now and not have
23 to worry about an existing path going one way or the
24 other.

25 All three alternative routes would be on the east

1 side. West side goes through me. The other alternative
2 route going Billy Wright Road borders us as well. I
3 don't know how to say this, but I'm not in favor of any
4 of it. I want to be able to pass this land on to my
5 grandchildren and pass it on to our families, and
6 putting a substation line through it, I'm not in favor
7 of.

8 With that said, I am the water master for the San
9 Joaquin River Exchange Contractors Water Authority. I
10 understand and thoroughly understand the need and why we
11 must have in this project. I thoroughly understand it.
12 It's something that we have to do. So I understand
13 both -- I feel both sides. I feel it for both. I don't
14 know what else I can say other than thank you. Thank
15 you for the time.

16 MR. KAWAMURA: Certainly. Thank you for those
17 comments. Is there anyone --

18 MS. JACKSON PADDACK: I don't want to stand up
19 and speak, but can the lines be on the existing towers?

20 MR. KAWAMURA: I will let -- let our -- some of
21 our engineers address that, but -- is Joe here? Do you
22 want to talk about using existing towers?

23 MR. OLORIZ: So what is your question as far as
24 using existing lines that are --

25 MS. JACKSON PADDACK: Can you use existing towers

1 that are already there and add additional lines or can
2 you increase the lines to make it handle more?

3 MR. OLORIZ: To the existing PD towers that are
4 out there, my understanding is no, we cannot add any
5 more circuits to the existing towers.

6 MS. JACKSON PADDACK: Or lines?

7 MR. OLORIZ: Or lines.

8 MS. JACKSON PADDACK: Leaving the towers, I mean,
9 is that even possible?

10 MR. OLORIZ: Modifying existing towers?

11 MR. FREEMAN: Modifying, building new to
12 accommodate that.

13 MR. OLORIZ: That's not something that's in the
14 study, but typically not. But I can't answer that
15 definitively.

16 MS. JACKSON PADDACK: What about instead of going
17 to the side of them, going in between them?

18 MR. KAWAMURA: We probably should have some names
19 with the speakers, so just -- just so the record is a
20 little bit cleaner. So, I'm sorry, if you can just
21 provide your name for the court reporter.

22 MS. JACKSON PADDACK: Denise Jackson Paddack.

23 MS. TACKABERRY: I'm Beth Tackaberry. Beth
24 Tackaberry. I would like to see the lines go between
25 the towers, not outside the lines, if they got to go.

1 MR. OLORIZ: Right. And then there's clearance
2 requirements that would prevent us from being able to do
3 that. There's minimum right-of-way widths that we have
4 depending on the voltage of line. So unfortunately
5 that's -- that's not a possibility. There is -- I
6 believe there are three or four lines out there existing
7 right now. Your property is two, I believe, that are
8 going through.

9 MS. TACKABERRY: And there's three sets of
10 towers.

11 MR. OLORIZ: Right, right. And the two that are
12 adjacent to each other, those, as is my understanding,
13 is a minimum width.

14 MS. TACKABERRY: (Nods head.)

15 MR. OLORIZ: So we could not --

16 MS. TACKABERRY: Well, what about the one on my
17 border, between that one and the other two? Because
18 there's plenty of room there, rather than making it
19 wider.

20 MR. OLORIZ: And that was to the west I believe?
21 I'm trying to remember your parcel, but I believe it's
22 -- you're saying move that the project area to the west?

23 MS. TACKABERRY: Yes.

24 MR. OLORIZ: And you can submit that as a comment
25 and we can --

1 MS. TACKABERRY: Yes.

2 MR. OLORIZ: That would be definitely looked
3 into.

4 MR. MURPHY: Joe, can you summarize that real
5 quick?

6 MR. OLORIZ: The comment was if we could relocate
7 basically the project corridor area to the west of
8 existing of what we're proposing right now adjacent --

9 MR. MURPHY: Of her property.

10 MR. OLORIZ: Of her property, correct. Right.

11 MR. KAWAMURA: Thank you, Joe. And if you could
12 submit those comments, that would be greatly
13 appreciated.

14 Are there any other comments?

15 (No response.)

16 MR. KAWAMURA: All right. If not, I'm going
17 to -- if you guys change your minds, feel free to submit
18 written comments by August 31st. We do look forward to
19 any type of written comments that you may have, and a
20 lot times it's easier to provide comments because you
21 can sit down, think about it, and write a letter and it
22 makes a lot more sense to you when you're writing a
23 letter than trying to speak off the cuff. So we do
24 appreciate this.

25 As part of the EIS/EIR process, the public

1 comments is one of the most important aspects of the
2 National Environmental Protection Act and the California
3 Environment Quality Act, and so any type of comments
4 that you guys can provide would be greatly appreciated.
5 We will consider all of those comments as part of the
6 final EIS/EIR that will be published sometime next year.

7 We appreciate everyone who attended. We do
8 understand that you are taking a lot of time out of your
9 day to come here, and we thank you for that. So thank
10 you. And if you guys have any questions, our staff will
11 be around for a while. Feel free to talk to anyone and
12 we look forward to your comments in this process. Thank
13 you.

14 (Recess from 6:00 p.m. to 7:27 p.m.)

15 MR. KAWAMURA: I'm going to adjourn the public
16 comment hearings. And the public comments are still
17 available and can be submitted through August 31st.
18 Until that time we look forward to hearing public
19 comments that we get and we will consider those as part
20 of the record and we'll address those as part of the
21 final EIS/EIR.

22 Thank you for attending, and the public comment
23 forums are adjourned.

24 (Time noted: 7:28 p.m.)

1 STATE OF CALIFORNIA,)
2)
3 COUNTY OF SAN JOAQUIN.)
4

5 I, KAREN A. ANDASOLA, a Certified Shorthand
6 Reporter in and for the County of San Joaquin, State of
7 California, do hereby certify;

8 That on August 11, 2015, thereof, I reported
9 verbatim in shorthand writing the foregoing proceedings;

10 That I thereafter caused my shorthand writing to
11 be reduced to typewriting, and that the foregoing
12 transcript constitutes a full, true, and correct
13 transcription of all proceedings had and given.

14 IN WITNESS HEREOF, I have hereunto set my hand
15 and affixed my Official Seal this 24th day of August,
16 2015.

17
18
19 _____
20 KAREN A. ANDASOLA, CSR #10919
21 Certified Shorthand Reporter
22
23
24
25